

IDAHO ENGINEERING LABORATORY PROPOSED PLANS
PUBLIC MEETING and COMMENT SESSION

May 16, 1995

Idaho Falls, Idaho

PRESENTATION NO. 1

Stationary Low-Power Reactor-1 and Boiling Water
Reactor Experiment-I Burial Site Investigations
and Track 1's

SPEAKERS:

Alan Jines, DOE Idaho
Jean Holdren, Lockheed Martin Idaho

PRESENTATION NO. 2

Central Facilities Area Landfills I, II
and III and Track 1's

SPEAKERS:

Alan Dudziak, DOE Idaho
Steve McCormick, Lockheed Martin Idaho

AGENCY REPRESENTATIVES:

Jean Underwood, Shawn Rosenberger - Idaho
Division of Environmental Quality

Howard Orlean - Environmental Protection Agency
Region 10 Office, Seattle, Washington

MODERATOR

Reuel Smith

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

| SPEAKER | REPRESENTING | PAGE |
|-----------------------------------|------------------------|------|
| Alan Jines | DOE Idaho | 12 |
| Jean Holdren | Lockheed Martin Idaho | 16 |
| Q/A and Public Comment Session | Audience Participation | 27 |
| BREAK | | |
| Alan Dudziak | DOE Idaho | 60 |
| Steve McCormick | Lockheed Martin Idaho | 62 |
| Q/A and Public Comment Session | Audience Participation | 73 |

1 IDAHO FALLS, IDAHO, MAY 16, 1995, 7:10 P.M.

2
3 MR. SMITH: I'd like to welcome you all
4 here to this meeting. And, it is true, we had expected
5 a larger turnout tonight. Nonetheless, the presentation
6 is still a great presentation. We have lot of information
7 to talk about tonight. We want to keep this meeting
8 informal, and hope that regardless of your affiliation
9 with the project with the INEL, this is the time to just
10 brainstorm ideas, interact with the project managers and,
11 you know, test them.

12 Did the agencies convince you that the
13 recommended -- that the Preferred Alternatives is the
14 one that should be done? Just to reiterate, the purpose
15 of tonight's meeting really is to have dialogue. The
16 agencies have prepared information that they will
17 summarize. Much of the information is a summary of what
18 you read in the proposed cleanup plans.

19 And aside from that, from presenting the
20 information, we wanted to discuss your concerns and the
21 issues that you see that are associated with these
22 projects. Additionally, we will have a comment period
23 where we have a court reporter with us tonight, and we
24 have -- a percentage of the meeting will be dedicated to
25 taking your comments. These comments will be responded

1 to in the Record of Decision, and the Record of Decision
2 will be available to the public in the Administrative
3 Records File for this project.

4 My name is Reuel Smith, and I'm the INEL
5 Community Relations Program coordinator, and I've been
6 involved in the cleanup meeting since the very first
7 one. And tonight when we do the meeting and we do the
8 meeting in Boise and then the meeting in Moscow, we will
9 have completed our 56th meeting, public meeting on a
10 cleanup project.

11 That includes five meetings on the
12 Federal Facility Agreement itself, so there has been
13 quite an outreach effort by the Department of Energy to
14 involve the citizens around the state in cleanup
15 meetings like this. I wanted to raise -- make you aware
16 of something tonight. The INEL Community Relations
17 Plan, which has been under revision for the last couple
18 of years, has now been released and is available, and
19 copies are available back here on the table.

20 This document really embodies a lot of
21 comments that citizens have made about this program. And,
22 incidentally, on the back of the agenda for the meeting
23 tonight, there's an evaluation form. The comments that
24 you give us about this meeting will eventually work their
25 way back into this Community Relations Plan.

1 We hope to improve the way we do
2 business. If it's advertising, if you stay away from
3 nice spring days like this to get people out, you know,
4 we should both have to consider those types of things.
5 But this is available. I wanted to just make a couple
6 of notes as an example. Citizens have made comments on
7 a number of the cleanup proposals that we've had, and
8 this document really addresses what the agencies have
9 done in response to those comments, so that's another
10 good feature about this document.

11 A couple of things that are in response
12 to public comments -- these poster boards, the format of
13 this meeting has been designed to respond to the public.
14 They've asked for an availability session before a
15 meeting, and that was held tonight. They've asked that
16 we set up a 1-800 number, and because -- in response to
17 public comments -- and the INEL now has a toll-free
18 number. It's a citizens' information line where they
19 can call and get direct access to program managers and
20 get answers to their questions.

21 Concerning the presentation tonight, we'd
22 like to acknowledge the fact that there are four ways to
23 comment. We have the comment forms on the back of the
24 proposed plans. For those who choose not to fill that
25 out tonight, it's a business reply form and you can turn

1 that in at any time. No postage required. And this was
2 sent out to about 7,500 people on our mailing list, and
3 we've already received a total of about 14 comments on
4 the two projects since the comment period started. So
5 there is interest out there.

6 If you do fill this out tonight, we have
7 a comment form collection box back here on the back
8 table, and if you'd like to leave those, we'll be glad
9 to collect them. You can also comment on the record
10 with the court reporter when we open that up. We have a
11 tape recorder here for those that would be interested in
12 giving comments for the record but would choose to do it
13 in the back of the room or in another setting.

14 Additionally, you can call the 1-800 line
15 now and go directly to a recorder and leave a recorded
16 message about the -- one of either of these two
17 projects. This is the first time that that's been done
18 but it's again in response to citizen request.

19 We have some information in the back of
20 the room about the environmental restoration program and
21 the things that have been happening over the past year.
22 If you're interested in some of those things, please
23 feel free to pick up copies of the information. In the
24 past we've had fairly elaborate semi-annual briefings,
25 and we felt like because of the cost associated with those

1 briefings, that we would make this information available
2 whenever we had meetings anywhere and use our resources a
3 little more efficiently.

4 I'd like to just go into a little bit of
5 background about some of the topics that we'll hear
6 tonight. When the agencies were negotiating the Federal
7 Facility Agreement, they identified and actually custom
8 designed patterns of investigations that would help use
9 resources effectively here. To begin with, there was a
10 series of preliminary investigations. If it turns out
11 -- they set up a process where we would have Track 1 and
12 Track 2 investigations.

13 Now, the Track 1 investigation
14 essentially said, look at existing information. And if
15 you can determine from that information that there are
16 no contaminants there, no release to the environment,
17 then you can issue a -- you could call that site a No
18 Action site or you could say we don't have enough
19 information; let's do a more detailed investigation, and
20 we'll call that a Track 2, and that might involve
21 sending workers into the field to do some sampling
22 activity.

23 So it's a little more detailed in its
24 orientation than a Track 1. A Track 2, then, could also
25 become -- depending on what you find out -- a No Further

1 Action site, or if it looks like there's an imminent
2 threat of a release to the environment or that would
3 affect workers or the public, an interim action may be
4 undertaken, in which case it's just an abbreviated
5 investigation. But it must go through all the same legal
6 requirements that the full-blown investigation does,
7 depending on what the agencies determine.

8 They may also do a remedial investigation
9 feasibility study, which in some cases could take two to
10 three years. Throughout the investigation schedule that
11 we have in the agreement, the Department of Energy can
12 initiate a removal action at any time, again, if there
13 is an imminent threat of release of contamination to the
14 environment or workers and that type of thing.

15 So while this is a little separate from
16 the investigation phase up here, it doesn't quite -- it
17 doesn't go through the same process to get to a
18 decision. However, these other investigations -- and
19 tonight we'll have remedial feasibility studies, and
20 these plans have Track 1 investigation results published
21 in them also. The agencies are putting these
22 investigations together in one document so that we can
23 come to a decision point and have closure, an official
24 closure point, on those investigations.

25 So tonight in the proposed plans you will

1 see both of those types of investigations. We're here
2 tonight in the decision phase. The agencies are
3 inviting public comment. Based on public comment, the
4 agencies will factor in public acceptance of their
5 Preferred Alternatives, so we're asking citizens tonight
6 to not only consider the Preferred Alternatives, but to
7 consider all the alternatives that were mentioned in the
8 plan or other alternatives that you may be aware of that
9 might not have been considered but that you feel would
10 be appropriate.

11 Following the decision phase, the
12 agencies issue the Record of Decision, which will
13 include a Responsiveness Summary to the public comment,
14 and that will be publicly available. And then based on
15 the type of decision, the scope of work for upcoming
16 activities would be laid out in that document. When we
17 actually go in to take comments, we'll have a few ground
18 rules; we'll go ahead and mention those at that time.

19 But if you'd like to just look at your
20 agenda quickly, the meeting is broken up into two parts.
21 The first presentation will be the Stationary Low-Power
22 Reactor-1 and the Boiling Water Experimental Reactor.

23 The second presentation will be on the
24 Central Facilities Area Landfills, and we'll have a
25 break in between. But after each project is presented,

1 we'll have questions of clarification. Now, if during
2 the presentation there is something that is not clear
3 and you would like to have that answered before we move
4 on, please raise your hand and we'll address that
5 question.

6 Otherwise, we'll have a Question and
7 Answer session at the end of the presentation, and once
8 everyone has their questions answered or we've had a
9 good discussion, we'll take comments for the record.
10 With that I'd like to introduce the agency
11 representatives who will make the presentation tonight.

12 First for the Stationary Low-Power
13 Reactor and the Boiling Water -- we're probably going to
14 hear this -- better explain about the acronyms. But we
15 have the Department of Energy representative Alan Jines
16 here tonight, and with him will be Jean Holdren from
17 Lockheed Martin.

18 The State representative for this project
19 is Jean Underwood from the State of Idaho, and from EPA
20 Region 10 we have Howard Orlean. So at this time we'd
21 like to, Jean, turn the time to you, if you'd like to
22 make a statement on behalf of the State.

23 MS. UNDERWOOD: Sure. Good evening. I'm
24 the Waste Area Group manager for the Low-Power Reactor
25 facility and the Auxiliary Reactor Area, which includes

1 the SL-1 burial ground. I'm also responsible for the
2 Borax burial ground, which -- because primarily it's
3 being characterized concurrently or evaluated
4 concurrently with the SL-1 site investigation.

5 With me also this evening is Scott Reno
6 with our Idaho Falls office. Scott was the Waste area
7 group manager for this project until about 2-1/2 months
8 ago, and so he's here tonight to help with this meeting.
9 This evening also there's going to be information
10 presented regarding the SL-1 and Borax burial ground
11 sites, as well as several Track 1 sites.

12 The State believes that the Preferred
13 Remedial Alternative identified in the proposed plan for
14 the SL-1 and Borax sites is the best approach, as is the
15 No Further Action proposed for the ten Track 1 sites.
16 However, as Reuel explained, any comments that you have,
17 those will be considered and used by the agencies in any
18 final decision. And the State -- we want to emphasize
19 that the State, you know, frankly encourages your
20 participation in this process. So with that, I'd like to
21 thank you for coming tonight.

22 MR. SMITH: Thank you, Jean. Howard?

23 MR. ORLEAN: My name is Howard Orlean.

24 I'm the EPA project manager for the Waste Area Groups 4
25 and 5, and also the SL-1 and Borax reactors, so I'll be

1 involved in both presentations tonight, actually. And I
2 also wanted to reiterate what Jean just said in that we
3 do welcome your comments and your involvement in this
4 meeting, and also to reiterate that EPA has reviewed the
5 proposed plan and all the study documents and the
6 Investigation Feasibility Study, and we do concur with the
7 Preferred Alternative which will be presented today to you
8 folks.

9 So with that, let me give it to Al.

10
11 PRESENTATION BY DOE IDAHO

12 MR. JINES: Tonight I'll be discussing
13 the burial grounds for two reactors. The first is the
14 Stationary Low-Power Reactor, which -- we use the
15 acronym SL-1 for that reactor. We like to use that for
16 the Stationary Low-Power Reactor, so if I say that,
17 please forgive me. I'm used to it.

18 The other project we'll be discussing
19 will be the Borax-1 Reactor site. Now, both of these
20 are burial grounds where former reactors were buried,
21 basically. The Stationary Low-Power Reactor-1 was an
22 experimental reactor built in the 1950's.

23 In 1961, as a result of an accident
24 during a routine maintenance operation, it achieved a
25 critical reaction. This resulted in a steam explosion,

1 the death of the three operators on duty, and the
2 rupture of the containment vessel. When the accident
3 occurred and during the demolition phase of the projects
4 -- well, let me back up and orient you a little bit with
5 the site. This is the original location of the SL-1
6 Reactor. If you want to look on this photograph, the
7 original reactor was right in here.

8 Now, this is a photograph, an aerial
9 taken at the INEL, and you're looking south. This is
10 Southern Butte. When the reactor was demolished after
11 the fuel core inside the reactor was removed, the soil
12 around the reactor facility was contaminated. The
13 reactor building itself and the soils around the reactor
14 were hauled up and buried in the SL-1 burial site, and
15 this is shown on this inset picture right here. This is
16 the way it looks today. It's basically a flat spot with
17 sagebrush on it.

18 Now, during the burial activities, some
19 of the radionuclides were scattered in the air around
20 the burial ground. This represents about 37 acres of
21 slightly contaminated soil. The burial site itself
22 consists of three excavations, each of which is about
23 400 to 500 feet long. The burial ground covers about
24 four acres. The Borax-1 was an experimental reactor
25 built in 1953.

1 In 1954 at the end of its design life, it
2 was intentionally destroyed, and we've got a great
3 photograph of the event recorded. The Borax-1 -- no, I
4 missed the slide. I apologize. The SL-1 reactor is
5 located here. This is the INEL. And the Borax-1
6 reactor is located here, and this is the Radioactive
7 Waste Management Complex, for anybody that's new here.

8 When the Borax site was destroyed, the
9 reactor building was contaminated, the foundation was
10 contaminated, and the soil around the reactor building
11 was contaminated with uranium-235 and other radionuclides.
12 After reviewing debris and hot particles from this area, a
13 six-inch gravel layer was laid down over an area about two
14 acres in size, and this gravel layer is bounded by this
15 dotted line that you see.

16 The gravel was placed in order to reduce
17 the radiation levels coming up from the contaminated
18 soil. The building was collapsed into the foundation,
19 which is this little green figure, and clean fill was
20 placed over the site, and that's the way it remains
21 today, and this is a photograph showing the site the way
22 it looks today. You can't see it in the photograph, but
23 there's actually a rise about four to five feet above
24 the surrounding terrain.

25 Since both of these sites involved

1 radiologically contaminated buried debris, we decided
2 that we could save money by evaluating the sites together
3 and considering the various remedial alternatives only
4 once. The remedial investigation focused on determining
5 the contaminants in each of the burial grounds and the
6 risks that they might pose to human health and the
7 environment. After examining the available records, the
8 agencies agreed that no sampling would be performed at
9 either of the burial sites. This decision was made
10 because we had accurate records of the fuel loads in each
11 reactor just prior to the accident and because it's
12 difficult to obtain useful sampling information from a
13 burial ground.

14 Using the known fuel loads, the operating
15 histories and computer models, we were able to estimate
16 the contaminants located or buried in each of the burial
17 grounds. The primary difference between the Borax-1
18 burial ground and the SL-1 burial ground is that at the
19 Borax-1 we have considerably more uranium-235. This is
20 important because uranium-235 is hazardous, and it's a
21 very long-lived radionuclide, whereas most of the other
22 radionuclides decay away sooner.

23 Jean Holdren is the primary author of the
24 remedial investigation report, and she's here to discuss
25 her findings. Jean?

1 PRESENTATION BY LOCKHEED MARTIN IDAHO

2 MS. HOLDREN: Risk assessment examines
3 the dangers that a person might encounter by either
4 working or living on a site. We performed what is known
5 as a baseline risk assessment, meaning we examined the
6 risk that would exist under the assumption that no
7 remediation is performed at either location.

8 The exposure scenario is a description of
9 how a person working or living on a site can come in
10 contact with the contaminants. Ten exposure scenarios
11 were examined for each of the two burial grounds
12 representing three time frames: today, 30 years in the
13 future, and 100 years in the future. For today's
14 discussion we chose one from each of those time frames,
15 just for discussion: a current worker, a resident
16 living on the site 30 years from now, and a person on
17 the site a hundred years from now.

18 Now, how a person can receive exposure
19 from a contaminant is called an exposure pathway. Of
20 all the possible exposure pathways, we looked at
21 particularly exposure to ionizing radiation, and
22 ingestion and inhalation of contaminants. These were
23 considered appropriate for the conditions at these two
24 burial grounds. These exposure pathways were assessed
25 for each of the scenarios.

1 The current occupational scenario
2 represents a worker spending up to two weeks a year on
3 the site performing monitoring, fence maintenance, and
4 observation. The exposure pathways for this scenario
5 are direct exposure to ionizing radiation, soil
6 ingestion, and inhalation of dust. The scenario 30
7 years in the future represents a resident living on the
8 site, building a house, living there for 30 years. And
9 the exposure scenarios, the exposure pathways for this
10 person are -- we added the residential groundwater
11 ingestion.

12 Note that for both of these scenarios we
13 modeled the assumption that the person would be directly
14 exposed to the waste. In reality at least two feet of
15 soil cover exists over each these burial grounds. A
16 worker on either site today is protected by the shielding
17 afforded by this soil cover and as well by the protection
18 measures that are in place. However, for risk assessment
19 purposes we assumed direct exposure to the waste in these
20 two scenarios.

21 The scenario 100 years in the future
22 represents a subsistence farmer who lives on the site
23 for 30 years, raises crops and livestock, and consumes
24 what is produced. Ingestion of plants, meat, and milk
25 were added to the exposure pathways. Exposure to

1 ionizing radiation and soil ingestion are the primary
2 and secondary exposure pathways.

3 This was determined by comparing the
4 estimated risk to the acceptable risk range. The
5 Environmental Protection Agency has established risk
6 guidelines to help us make remediation decisions and
7 assess risk at a site. Each of us is already at risk
8 for contracting cancer. As a matter of fact, about one
9 in every four of us will have cancer in some form sooner
10 or later. Excess cancer risks are those over and above
11 the standard risk of getting cancer.

12 The EPA has defined the range of
13 acceptable excess risk from between one in 10,000 to one
14 in one million. A range is used because estimation of
15 risk is not an exact science. And when we say that the
16 excess cancer risk is one in a million, we mean that there
17 is a probability that one person in a group of one million
18 people has a chance of getting cancer as a result of
19 radionuclides at one of these burial grounds.

20 This one person in a million would be in
21 addition to the one person in four already expected to
22 get cancer from some other reason. Excess risks were
23 estimated for all scenarios and compared to the EPA's
24 risk range. The baseline risk assessments focused on
25 cancer risk because all of the contaminants at both

1 those sites are radionuclides.

2 For radionuclides, the risk of getting
3 cancer far outweighs the risk of the hazard constituents
4 of the chemicals. Chemical toxicity was considered but
5 dismissed since it was not a significant component of
6 the total risk at either site. Of all the exposure
7 pathways assessed, exposure to ionizing radiation had
8 the highest risk in each of the ten scenarios. Soil
9 ingestion was identified as a secondary exposure pathway
10 for some scenarios but at much lower risk levels. There
11 were no other exposure pathways at any scenario with
12 risk above EPA's acceptable risk range.

13 In particular, risk due to groundwater
14 ingestion is not a driver at either site because the
15 aquifer will not be significantly impacted by
16 contaminants from either burial ground. In fact,
17 modeled estimates indicate a maximum excess risk at SL-1
18 right at the bottom of acceptable risk range about here;
19 and for Borax, just above that. Cesium-137 and
20 strontium-90 were identified as the current primary risk
21 drivers. Uranium-235 is a component that will increase
22 in importance in time as the cesium and strontium decay
23 away.

24 Uranium-235 is especially important at
25 Borax. Estimates of the excess cancer risk are

1 unacceptably high for all exposure scenarios. For the
2 resident living on the site 30 years in the future in
3 this scenario, if no remediation is performed at the
4 SL-1 for this person living on site, the risk, excess
5 cancer risk, is about 5 in 10. This means that one out
6 of every two people living on the site could get cancer
7 as a result of exposure to ionizing radiation at SL-1.
8 Risks are somewhat less for the other two scenarios but
9 still well above the acceptable risk range.

10 Similarly, and at Borax-1, if there's no
11 remediation performed, about three of every 100 people
12 could suffer radiation-induced cancer. Total excess
13 risks for the other two scenarios are also unacceptably
14 high. However, these risks are decreasing with time.
15 Cesium-137 has a half-life -- and that's the time it
16 takes for half of the radionuclide to decay away -- of
17 only about 30 years. Because of this short half-life,
18 the risk from cesium-137 will decrease appreciably
19 within the next few hundred years.

20 At SL-1 the excess risk due to cesium 137
21 will enter the EPA's acceptable risk range in about 400
22 years, and there it will remain and continue to decrease
23 until it stabilizes about right here, where it will then
24 remain due to the presence of uranium-235, which has a
25 very long half life. At Borax the excess risk due to

1 cesium-137 will decrease to EPA's acceptable risk range
2 in about 320 years. Prior to that, however, the excess
3 risk will become dominated by the presence of
4 uranium-235, and so the total excess risk will level off
5 just above the acceptable risk range.

6 As these figures demonstrate, remediation
7 must be effective for a minimum of 400 years at SL-1 and
8 for a minimum of 320 years at Borax in order to be
9 protective of excess risk due to cesium-137. Alan will
10 now come back up and discuss with you the remediation
11 alternatives that we looked at to address these risks.

12 MR. JINES: Thank you, Jean. A feasibility
13 study is conducted to examine the range of alternatives,
14 remediation alternatives that are available for a site.
15 In this case we performed what's called a Focus
16 Feasibility Study. A Focus Feasibility Study is limited
17 to looking at remediation alternatives that have been
18 selected for other similar sites. The Focus Feasibility
19 Study allows us to save time and money by concentrating
20 only on remedies that are most likely to be effective.

21 In this case we focused on four
22 alternative actions. The first alternative action is No
23 Action. We're required by law to consider this. The
24 second is Institutional Controls. This would consist of
25 limiting access to the site so that nobody could go onto

1 the burial ground and become exposed to any radiation.
2 The third alternative is Containment, as with a cap or an
3 engineered barrier; and the fourth alternative is
4 Excavation and Removal of the contaminated debris.

5 In order to choose between these four
6 alternatives, we compared them to these evaluation
7 criteria, all except for public acceptance, which is
8 what we're evaluating tonight. When we performed this
9 evaluation, the Institutional Controls Alternative
10 dropped out because it doesn't meet the test for
11 long-term effectiveness.

12 In order to meet that test -- well, for
13 Institutional Controls, you have to assume that there's
14 an institution there to maintain control, and since
15 these radionuclides are going to last 3- to 400 years,
16 that's not an assumption that we're prepared to make.
17 That leaves us with three alternatives, the first of
18 which is No Action.

19 Under the No Action Alternative, we would
20 leave the waste in place. We would drill monitoring
21 wells and perform long-term monitoring. The cost
22 estimate for the SL-1 is \$1.1 million, and for the Borax-1
23 it's \$1.4 million. That's based on 30 years of
24 monitoring. The second alternative, which is the
25 Preferred Alternative, is containment by capping. This

1 would consist of constructing an engineered barrier over
2 each of the burial grounds. The primary purpose of this
3 barrier would be to prevent people from being exposed to
4 the ionizing radiation that's contained within the burial
5 ground.

6 The cap would consist of sand, gravel,
7 and large basalt layers to effectively inhibit ant
8 intrusion, small mammals, large mammals such as coyotes,
9 and with what we refer to as the inadvertant human
10 intruder. That's somebody that just happens to be out
11 digging around. They're unaware that they're on a
12 burial site. They don't see the signs, and they want to
13 dig a hole. Large basalt chunks will deter them. The
14 cap would also inhibit contaminants by preventing wind
15 and water erosion. We would perform periodic monitoring,
16 and the cost rate for the SL-1 is \$3.8 to \$8.8 million.

17 Now, to understand the cost range, you
18 need to go back to the site map -- and that's the wrong
19 one. We have these lightly contaminated soils around
20 the burial ground. If we have to consolidate these
21 soils underneath the cap -- we have to consolidate all
22 of them -- we'll be at the upper end of the cost range.
23 If we don't have to consolidate any of these materials,
24 then we just cap the burial site alone, then we'll be at
25 the lower end of the cost range. For the Borax-1, the

1 cost estimate is \$2.3 to \$4.7 million. And the cost
2 range again is explained by the final disposition of
3 these contaminated soils.

4 Now the evaluation is being conducted
5 right now to determine which if any of these soils at
6 each location will have to be placed underneath the cap.
7 The third remedial option considered is excavation and
8 removal of the contaminants. Under this scenario we
9 would construct a building over each of the burial sites
10 to prohibit dust from escaping and spreading the
11 contamination.

12 We would use conventional excavation
13 equipment to go in, excavate the material and haul it to
14 the Radioactive Waste Management Complex. We would then
15 backfill each of the cases and seal them, and we would
16 have a clean site. For the SL-1, the cost range is
17 \$68.9 to \$201 million. The cost range reflects the
18 uncertainty of how much of these soils would have to be
19 picked up and hauled to the Radioactive Waste Management
20 Complex.

21 For the Borax-1, the cost range is \$8.4
22 to \$20.5 million. Again, the range reflects the
23 uncertainty of the contaminated soils around the burial
24 ground. The advantages of the Preferred Alternative,
25 which is containment by capping -- primarily it reduces

1 risk to levels that protect human health and the
2 environment by inhibiting exposure to the ionizing
3 radiation. The second advantage is -- and it's really
4 significant to understand -- is that it protects workers
5 and the public while the remedial action is being
6 conducted.

7 This is a significant difference between
8 the capping alternative and the excavation and removal
9 alternative where we would have the possibility of some
10 short-term exposures. The Preferred Alternative would
11 inhibit the migration of the contaminants, and it
12 provides for an effective long-term isolation of the
13 contaminants.

14 The last issue you need to understand
15 from this alternative is that for the Borax, as Jean
16 discussed, we have a residual risk of two in 10,000.
17 When you design a cap, you can't assume that it's going
18 to last forever. You have to assume that someday it's
19 going to fail. And in the case of the Borax, if the cap
20 completely goes away after its design life of 320 years,
21 then there is the potential risk of two in 10,000 to
22 somebody actually living on the site.

23 We have ten Track 1 sites that have been
24 incorporated into the proposed plan that we're discussing
25 tonight. The Track 1 process is used by the Department of

1 Energy to determine whether or not a removal action needs
2 to take place or if further analysis needs to take place
3 on a site. In this case the Track 1s -- let's see if I
4 can find my original -- seven of the Track 1 sites are in
5 the Power Burst Facility, which is located just north of
6 the SL-1 reactor. And three of the sites are located in
7 the Auxiliary Reactor Area, which is the same as the SL-1
8 reactor area.

9 In each of these sites we have found
10 either no contamination or very low levels of
11 contamination. And the contamination that we found does
12 not pose an unacceptable risk. Based on this information,
13 the three agencies are recommending that no further action
14 be taken at any of these sites. The proposed plan itself
15 has more information on each of these sites that's
16 available for you to read if you're interested in more
17 details.

18 MR. SMITH: Okay. That concludes the
19 presentation on these two projects. Are there any
20 questions that you'd like to ask for clarification,
21 something in the presentation that might not -- that
22 maybe wasn't as clear as it should have been?

1 Q/A AND PUBLIC COMMENT SESSION

2 AUDIENCE MEMBER: Yeah. On the surface
3 soil consolidation, what criteria are you going to use
4 for it on that?

5 MR. JINES: The Proposed Plan indicates
6 that we will base that decision on this residual risk
7 that would result from the surface soils at the end of a
8 30-year period, so if -- when we sample the surface
9 soils, if we find that there's not enough containimants
10 to pose an unacceptable risk after 30 years, which is our
11 assumed period of institutional controls, then if there's
12 an unacceptable risk, we'll remediate those soils.

13 We'll take them up and put them under the
14 cap or we'll haul them off. If the risk is in the
15 acceptable range, we'll leave them where they are and
16 allow them to decay.

17 AUDIENCE MEMBER: You want comments on
18 that now?

19 MR. SMITH: Well, this is mostly for
20 clarification. You know, if you want to -- the point
21 where you want to express your opinion and your thoughts
22 about the project would be in the comment period. Yes.

23 AUDIENCE MEMBER: Reuel, I think the
24 numbers showed that that was \$5 million difference, \$5
25 million difference between, you know, the one where you

1 didn't have to consolidate the dirt and where you did.

2 Why -- can you explain why that amount of cost?

3 MR. SMITH: Is this between alternatives
4 that you're referring to?

5 AUDIENCE MEMBER: Well, it's the two
6 between the SL-1, I think. I think it's the range given
7 on the Preferred Alternative.

8 MR. SMITH: Okay. Alan, do you want to
9 address that one?

10 MR. JINES: Sure. The additional cost --
11 you need to keep in mind the size of the area. The SL-1
12 burial ground is four acres of contaminated soil.
13 Around it is 37 acres. The additional cost would be
14 required to actually scrape the entire 37 acres, replace
15 it and reseed it. And for the Borax it's a similar
16 situation. It's really the size. It's kind of deceiving.

17 MR. DUDZIAK: I guess I just wanted to
18 add that the cost will really be narrowed down after
19 this is done as soon as they determine how much material
20 needs to be consolidated, during the reload design phase
21 when they actually go out to do the sampling to
22 determine how much soil material needs to be
23 consolidated or removed at that time.

24 MR. SMITH: Okay. Did that answer your
25 question?

1 AUDIENCE MEMBER: Yes.

2 MR. SMITH: Question back here.

3 AUDIENCE MEMBER: There seems to be one
4 alternative looked at that involves removal, you know,
5 of the waste. And that -- it seems to me that there
6 might have been or maybe there was consideration given
7 to another alternative that also involves removal but
8 not total removal. That is one thing that impresses me,
9 is that there's a pretty fair amount of uranium,
10 especially at Borax-2 or Borax-1. The Borax-1 site has
11 about 89 pounds of uranium-235 that wasn't recovered,
12 and, you know, the thought occurs that it would be
13 certainly a plus if some of that or most of it could be
14 recovered because that's enough to make a nuclear weapon
15 or two. And, you know, it's valuable material and it's
16 strategic material and so on.

17 And it also has this very long, you know,
18 700 million year -- half-life so that anything that
19 isn't recovered is effectively there, you know. It's
20 always going to be there and it's always going to be
21 influencing, you know, the situation. If -- I suppose
22 eventually -- and you've run calculations, I believe, on
23 this -- some of it at least gets down to the aquifer and
24 manages to make its way in the plume from that location,
25 and that plume initially may have some other things like

1 cesium-137 in it, but those die out in a fairly short
2 time, you know, two or three centuries.

3 But that the uranium stays there, and it
4 produces daughter products that are more troublesome
5 than the uranium itself. So again, you know, what I'm
6 painting is a picture that makes it look like it's
7 desirable to make an effort to get that uranium because
8 it does have that long-term impact potential and so on,
9 and so that is the thought, anyway.

10 If one could take the -- a scraping
11 device and scrape that original ground surface -- I
12 don't know how hard that is, but if you could, that --
13 you know, that was there when this reactor exploded,
14 then there's got to be some of that uranium scattered
15 around, and it -- you know, wasn't massive enough to dig
16 down into the groundwater much. It's there pretty much
17 at that surface, and so if one scraped that top inch or
18 two into a heap, you might have a pretty fair amount of
19 uranium in that.

20 And there are methods that weren't
21 available back when that explosion took place to
22 separate out radioactive materials. There are these
23 devices like a big conveyer belt that you can put
24 contaminated soils on and this conveyer will carry the
25 soil to splitter strips of metal. And then each channel

1 through -- between the pair of splitter strips gets
2 surveyed and the survey meter is hooked to a little
3 device that will redirect contamination when it finds
4 it, and those things are fairly effective.

5 I think you used them on Johnson Island
6 to get contaminants out of the soil, the contaminants.
7 And maybe with the right kind of adaptations, the alpha
8 emitters and beta emitters too. So anyway, there seems
9 to be a possibility there for scraping up the raw
10 material and then taking it through this kind of thing
11 and then maybe even using some kind of a device that
12 would help you separate uranium, since it's a very heavy
13 metal more or less like gold, by just taking advantage
14 of its additional gravity.

15 All I'm saying is that it seems there are
16 methods that might be used to go after that uranium, and
17 so the partial cleanup that, you know, that I'm asking
18 about would involve making an effort to get that uranium,
19 and in the process maybe also get into the location where
20 the hardware was buried and just take out anything that is
21 above NRC Class A limits and that cause you to take out
22 things that the -- before were problems.

23 MR. SMITH: Let me ask you this. What
24 about for purposes of Question and Answer, I think I
25 heard about two issues that maybe they could talk about.

1 One, you were talking about a partial removal and
2 recovery of uranium.

3 AUDIENCE MEMBER: I'm talking about an
4 alternative, really, not so extensive as trying to get
5 everything out of the ground.

6 MR. SMITH: Okay. But the other issue
7 was that the contaminants would eventually make their
8 way to the Snake River Plain aquifer?

9 AUDIENCE MEMBER: Yes.

10 MR. SMITH: Those are two things I think
11 we can talk about, and I can tell by what you're saying
12 that you're getting into recommendations to the agencies,
13 and I would encourage --

14 AUDIENCE MEMBER: No. I'm asking
15 questions, really.

16 MR. SMITH: -- you to make that comment.

17 AUDIENCE MEMBER: Well, yeah. I guess I
18 would tend to recommend something like that. But at
19 this point I was really basically asking, were there
20 other alternatives considered when it comes to removal
21 besides total removal. Total removal is awful hard. To
22 get everything is virtually impossible. But the thought
23 is that you don't really need to get everything.

24 MR. SMITH: If there were other
25 alternatives considered along the line.

1 MR. JINES: Yeah. The only other removal
2 alternative we considered was excavation using remote
3 equipment. We didn't formally analyze the partial
4 removal scenario, and the reason we didn't do that -- in
5 1954 a concerted effort was made to gather as much uranium
6 as possible from the contaminated soil around Borax-1.

7 In fact, most of the equipment in the
8 Borax-1 was successfully decontaminated and hauled off
9 site for further reuse. We believe that most of the
10 uranium is actually contained within the foundation of
11 the building. When this -- I like this photograph.
12 When this blew, it didn't actually rupture the
13 foundation, and that's where we believe the bulk of the
14 uranium is.

15 AUDIENCE MEMBER: Well, then I guess the
16 thought that would follow that is that that's a pretty
17 valuable commodity there, and it's going to have a
18 perpetual effect and maybe it's worth going after.

19 MR. JINES: It's a thought.

20 MR. SMITH: Okay. The impact on the
21 Snake River Plain aquifer. Any comment on that?

22 MR. JINES: Yeah. We did model the
23 migration of the uranium and we anticipate that it
24 reached the groundwater in 10,000 years. And even with
25 that we didn't find that it was within the -- that it

1 was outside of the acceptable risk range. So it's there.

2 AUDIENCE MEMBER: There's been quite a lot
3 of changing, I know, going on when it comes to the
4 estimated travel time at least for water to get from the
5 surface to the aquifer. I think there was a time where
6 at the RWMC the estimate was, you know, 10,000 years,
7 and then it decreased and then it decreased. And I
8 think the current estimate is 30 years.

9 MR. JINES: Do you know that?

10 MS. HOLDREN: I don't know which model
11 they're using.

12 AUDIENCE MEMBER: This is water now and,
13 of course, the rate of something like a uranium compound
14 or a uranium metal might be a completely different horse
15 because, you know, it may hang up, you know, be somehow
16 or other held up by, you know, some kind of an ion
17 exchange or something.

18 MS. HOLDREN: Well, uranium does absorb
19 into the soil and it's also the case that the uranium
20 we're looking at is not particularly soluble. So we
21 wouldn't expect it to move.

22 AUDIENCE MEMBER: So it's not certainly
23 going to move at the rate of water.

24 MS. HOLDREN: That's right.

25 AUDIENCE MEMBER: And how did you come up

1 with 10,000 years?

2 MS. HOLDREN: We moved the modeling.

3 AUDIENCE MEMBER: There's a whole other
4 question along this line, but I'm just trying to clarify
5 what's going on. Jean, I think you mentioned there was
6 no chemical risk, but I think you also said there was
7 extremely limited sampling done around SL-1 and Borax
8 both.

9 Both those plants, I think, used water
10 treatment and I'm wondering -- you did it on your
11 Track 1s up there, I know, your overspray, everything
12 else. Are you here to assure us that there is no chemical
13 contaminants?

14 MS. HOLDREN: Do you want me to take that
15 one?

16 MR. JINES: Yes.

17 MS. HOLDREN: Yes, we are here to assure
18 you of that. I didn't say that there were no concerns
19 about the chemical characteristics. What I did say is
20 we took a look at all of it and determined that it was
21 such a small part of the total risk that it did not
22 require a complete assessment like the radionuclides did.

23 We did do a complete assessment of all
24 the radionuclides and a qualitative assessment of the
25 toxicity.

1 AUDIENCE MEMBER: I understand that, but
2 how do you know on the -- what levels did you use for
3 your chemical constituents?

4 MS. HOLDREN: We didn't assess levels.
5 And for the SL-1 site, we're looking at a burial ground
6 that's removed from the regional facility.

7 AUDIENCE MEMBER: What if I had a million
8 parts of chrome out there? How do you know that I don't
9 have that?

10 MS. HOLDREN: From the historical record
11 we looked at, that's how we determined what our
12 constituents were.

13 AUDIENCE MEMBER: Okay. So historical
14 records on the chemical contamination site. Okay.
15 Alan, you said that U-235 is hazardous. How do you mean
16 that?

17 MR. JINES: The carcinogenic hazards.

18 AUDIENCE MEMBER: Internal? External?

19 MR. JINES: It's an alpha emitter, so it
20 would be internal.

21 AUDIENCE MEMBER: In the write-up it
22 mentions that SL-1 had a prompt criticality. It says
23 in the margin this is an accidental and uncontrolled
24 nuclear reaction. Everybody keeps referring to Borax as
25 explosions. Is it also a prompt criticality?

1 MR. JINES: I can address that. Yeah.
2 They were the same. SL-1 was an accident and Borax-1
3 was intentional. In the case of the SL-1, the main
4 control rod was removed so we had a nuclear reaction
5 taking place in the core which resulted in the formation
6 of steam. There was a water-cooled reaction, and then
7 the steam exploded and ruptured the vessel. In the case
8 of the Borax-1, it was -- I believe it was the same
9 situation. It was cool water that went off, and so it's
10 really similar.

11 AUDIENCE MEMBER: So both of them were a
12 prompt criticality?

13 MR. JINES: That's correct.

14 AUDIENCE MEMBER: Really, then your
15 definition in the margin should be beefed up on prompt
16 criticality. But that's all right.

17 MR. SMITH: Okay, Bob -- let me ask.
18 Anybody else want to follow up with a question here?
19 Okay, Bob. It looks like we're back to you.

20 AUDIENCE MEMBER: You didn't address land
21 use, did you? You got 30-year and 100-year scenarios
22 and we're going to spend an awful lot of money with no
23 land use scenario. What's the State and the EPA
24 considering for this land? You know, the most populated
25 countries on earth, China and those, still have very

1 open areas where there's no people. It's hard for me to
2 visualize that in 30 years the INEL is going to have a
3 population where they have people out there.

4 MR. ORLEAN: Well, the scenario we would
5 use -- the last scenario we're using would be an
6 industrial type scenario, not a residential type
7 scenario. We would hope that Institutional Controls
8 that would be in place at that time would lead us, you
9 know, to -- would lead to that industrial use of the
10 land. So we certainly don't expect condominiums out
11 there in 30 years or so. We're hoping --

12 AUDIENCE MEMBER: I thought they were
13 calculating an exposure scenario for somebody who grew
14 food there.

15 MR. ORLEAN: It was an agricultural
16 scenario that was calculated also, yeah. The
17 surrounding fields, which are -- I'm not a toxicologist,
18 so I don't know if you can take that. The agricultural
19 risk scenario is generally -- my understand being it's
20 much less stringent certainly than a residential scenario
21 but a little more stringent than the industrial, somewhere
22 in between.

23 AUDIENCE MEMBER: Do you know about how
24 much more stringent the agricultural scenario is
25 compared to the industrial?

1 MS. HOLDREN: Well, in comparison to the
2 scenarios we talked about here tonight, the future
3 subsistence farmer is actually a little less stringent
4 than the residential scenario because we did not model
5 direct exposure to the waste. We assumed that there
6 would be shielding from the soil cover. But we also
7 assume that the contaminant concentration that we have
8 on record from historical sampling would be present in
9 the soil, and there were unacceptable risks even in that
10 scenario a hundred years in the future.

11 AUDIENCE MEMBER: I guess what I'm getting
12 at is that you're stating that industrial may be
13 envisioned for this place in 30 or 100 years and never
14 residential. So why calculate for the agricultural
15 residential when all we're going to have here is
16 probably, in the next hundred years anyway, is going to
17 be industrial at the most?

18 MS. HOLDREN: Howard, do you want to take
19 that one?

20 MR. ORLEAN: Okay. Generally what we --
21 we would require is that the -- if there's an
22 uncertainty there -- and in this case there is an
23 uncertainty, what I said is that it's feasible that the
24 industrial scenario would play out over 30 years. But
25 if there is some uncertainty there, we calculate the most

1 stringent, and in this case it would be the residential.

2 MR. SMITH: Okay. Another question back
3 here.

4 AUDIENCE MEMBER: Just a quick one. I
5 was noticing on your farming scenario, did you consider
6 the uptake into food crops as you were doing that
7 scenario?

8 MS. HOLDREN: Yes. We've considered
9 uptake through both meat and plants and milk.

10 MR. SMITH: Yes.

11 AUDIENCE MEMBER: Well, those scenarios
12 sound kind of like NRC scenarios. Are they pretty much
13 the same as the NRC scenarios?

14 MR. ORLEAN: No.

15 AUDIENCE MEMBER: Well, you know, there
16 is an independent --

17 MR. ORLEAN: No, they're not. Take my
18 word for it.

19 MR. SMITH: Do we have someone that wants
20 to take it? Yes, Scott.

21 MR. RENO: Scott Reno for the State. I
22 emphasize that decisions have not been made on this yet,
23 which is one of the reasons we're here today. As far
24 as the scenarios that were chosen for the purposes of
25 the baseline risk assessment, the 30 years is a default

1 INEL future risk scenario for future residential.

2 We also, for the purposes of assessing
3 the risk managers making that decision, show a 100 year
4 residential scenario for comparison. Now for the State,
5 the outcome of the site-specific advisory board or the
6 Citizens' Advisory Board here are going to have a big
7 impact on the decisions that IDHW did or the State makes
8 on the future land use decisions. But that will be
9 based largely on the outcome of the Citizens' Advisory
10 Board, and they have not made those decisions yet.

11 AUDIENCE MEMBER: Well, Scott, you can see
12 the importance of it. I mean, we're spending \$8 million
13 here on SL-1 if we go with Alternative 2, just for
14 consolidation of the soil. I hear the EPA telling me
15 that this is an industrial scenario. I don't even see
16 an industrial scenario up there. We brought out that we
17 got the current worker exposure. What is it for an
18 industrial scenario 30 years down the road?

19 MR. JINES: We modeled 30 scenarios. We
20 modeled 30 scenarios.

21 MS. HOLDREN: Ten each.

22 MR. JINES: Ten each. So I guess there
23 were just 20. We just presented a few tonight.

24 AUDIENCE MEMBER: And you took what,
25 though? I mean, is this the worst case?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. JINES: Uh-huh.

AUDIENCE MEMBER: Why take the worst case? I mean, you know, the government keeps saying don't spend the money. I mean, let's do something.

MR. ORLEAN: Again, it's the concern --

AUDIENCE MEMBER: It is.

MR. SMITH: This is probably for the comment period more.

MR. ORLEAN: Yeah, you're right. It is the uncertainty there that Scott mentioned, that there's not been any decision made as to what the future use is; therefore we have to devolve to this more conservative one.

MR. RENO: Then in addition, the risk is going to be above the EPA acceptable risk range for 400 years at SL-1, and at Borax-1 it will be above the acceptable risk range for 320 years. So, you know, even though our risk assessments are only based on 30 years and a hundred years with residential scenarios, the risk will extend far beyond that because it's very --

AUDIENCE MEMBER: Well, Scott, I think we understand that, but that's for a direct exposure. If you don't have people out there on an industrial thing or you got asphalt over the top of this thing, if it is industrial, it's a lot less.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. RENO: I agree. In fact --

AUDIENCE MEMBER: So we're a little premature.

MR. RENO: For the 30 year future occupational scenario, the total scenario risk was a one in ten risk for 30 years.

AUDIENCE MEMBER: Okay. So then that puts us back to maybe the No Action.

MR. ORLEAN: Is that one in ten?

AUDIENCE MEMBER: One in 10,000.

MS. HOLDREN: No. One in ten.

MR. ORLEAN: When you're talking about radionuclides, you know, that -- you know, even if in many cases even "background levels" are above EPA's risk range. Some sites I've seen that have "background rate" levels of radionuclides, you're already at 10 to the minus 2 level, so you're already above that, so it's moot.

MR. SMITH: Then I get the feeling, then, that we're about ready to go into some comments. Is that -- do you have that feeling? One more question, one here.

AUDIENCE MEMBER: I still have a question. The two different systems for intruders, future intruders, is one of the main differences between the EPA and the NRC systems. They sound a lot more or less alike, you know,

1 to the casual listener because, you know, you're talking
2 agricultural scenarios and you talk a residential scenario
3 and those are -- those have counterparts, you know, in the
4 NRC system. Is there -- is it fairly easy in a sentence
5 or two to say generally what the differences are?

6 MR. SMITH: Let me just ask you this for
7 -- going into NRC comparisons with this, that might be
8 -- is that something we can talk about at the break?

9 AUDIENCE MEMBER: Well, maybe I could
10 just find out where it is written and I can read up on
11 it myself.

12 MR. SMITH: Okay. If you have information
13 on that, Howard, let's talk about that at the break.

14 MR. ORLEAN: Okay.

15 MR. SMITH: Yes?

16 AUDIENCE MEMBER: I have one more, if you
17 wanted to go ahead into it.

18 MR. SMITH: Yes.

19 AUDIENCE MEMBER: We tend to talk about
20 the intruder, you know, and the impact on the intruder
21 and so on. I'd like to get back to talking about the
22 material that makes its way to the aquifer and the plume
23 that results from that. The general direction or
24 movement of the aquifer, as I understand it, is sort of
25 a southwesterly, you know, under the site, and so the

1 plume from the SL-1 reactor site will be sort of a
2 widening thing as it proceeds southwesterly.

3 And it seems that it might overlap the
4 plume up from the Borax site. Would that be indeed the
5 case? Well, let me proceed anyway. I'm raising a
6 question, really.

7 MR. SMITH: Let's take time to see if
8 they give an answer to that question.

9 MR. JINES: We haven't really evaluated
10 that.

11 MR. SMITH: Do you want to address that?

12 MR. JINES: We haven't really evaluated
13 the possibility of overlapping plumes. I really couldn't
14 give you that.

15 AUDIENCE MEMBER: Well, the reason for my
16 question is that one of the things that one -- some
17 people look at, you know, whether it comes tomorrow like
18 this is the impact on the member of the public at some
19 future time, and that impact is via the water. And it
20 gets down to what he ingests, you know, from the water.

21 And if you look at just this one site --
22 say the SL-1 site -- you could say, well, in the future
23 a member of the public is going to ingest water that has
24 these contaminants, and that's going to be a small
25 impact on him. And if you look at the Borax plume, you

1 might be able to make some similar statement about it.
2 But the fact is that the future member of the public
3 really is impacted by the combination of the two, not
4 just the one or the other.

5 And in addition to that there was another
6 site that was evaluated a few months ago, the -- the
7 Pad A site where the conclusion was that if you leave
8 the Pad A waste -- I think about 18,000 drums of Rocky
9 Flats waste, and about 2,000 boxes, 4 x 4 x 7 boxes, of
10 Rocky Flats waste, pretty much in place as they are, and
11 so that will also have its plume, and I think that plume
12 probably overlaps these two plumes too.

13 So the impact on the member of the public
14 in the future is the sum of the impacts from each of
15 those three locations. And then it goes on, you know,
16 that the RWMC itself is near by, and it has a plume, and
17 so there's another plume that overlaps and there's CPP
18 not very far away and ATR that's not very far away. And
19 all of these things may contribute to the worst case
20 impact on the future member of the public. And so it
21 seems that you can't really look at these individually
22 and make a decision about what to do regarding each one
23 on the basis solely of its situation.

24 You instead need to look at the results
25 of the combination of all those things that might impact

1 the future member of the public, okay, and that might
2 lead you to a different conclusion than the conclusion
3 you might reach if you look only at, say, the SL-1 or
4 only at Borax.

5 MR. JINES: I'd like to respond to that.

6 MR. SMITH: Yes, Alan.

7 MR. JINES: That's just an excellent
8 comment. Each of these little blue squares represents
9 one of the major areas out on the site where we have --
10 well, buildings and contamination. Of course they're
11 related to each other. And the way we've broken the
12 INEL down is we have a total of ten waste area groups.

13 Each of the first nine waste area groups
14 corresponds with one of the facilities, like ten and
15 TRA, and CPP and MTR, RWMC and the PBF, and the SL-1.
16 We're performing investigations of each of those sites
17 right now. And when we're done, we'll do the tenth one,
18 which is the INEL as a whole, and all of the decisions
19 that we make in the other nine waste area groups are
20 subject to review where we look at the possibility of
21 any overlapping plumes and any other -- any other effect
22 where you have a little bit from each coming together to
23 cause a larger risk, and that will be the final Record
24 of Decision that we write.

25 AUDIENCE MEMBER: The action, then, won't

1 be nonreversible for any of these sites until you've
2 gotten to that tenth stage --

3 MR. JINES: That's correct. That's right.

4 AUDIENCE MEMBER: -- and you've looked at
5 the overall -- okay.

6 MR. SMITH: Might mention too that this
7 waste area group ten is the Snake River Plain aquifer,
8 you know, so . . . We have a comment back here in the
9 back.

10 AUDIENCE MEMBER: My only question was
11 that do you -- primarily to Alan. Do you agree that
12 when we're talking about Borax and you're talking
13 specifically about the uranium, that that will
14 contribute to a plume effect? In other words, the
15 comment of plumes gives you an impression, a plume line
16 you know, like a plume, et cetera.

17 Okay. Do you really think that your
18 uranium is going to go into a plume type situation, or
19 is it going to remain in the soil?

20 MR. JINES: Well, you're really getting
21 into a matter of definition. And I understand your
22 point. We believe that eventually there will be some
23 radionuclides, individual atoms, reaching the ground
24 water, uranium-235, and they will flow with the
25 groundwater downstream. Now, whether or not that

1 constitutes a plume in the traditional sense, I think is
2 really open to discussion.

3 AUDIENCE MEMBER: It's just a term that's
4 used in this kind of thing.

5 MR. JINES: Right. Right.

6 AUDIENCE MEMBER: I understand.

7 MR. JINES: But it's not like an oil slick.

8 AUDIENCE MEMBER: When your heavier
9 nuclides include -- that don't tend to plume like your
10 lighter ones and especially those that are not dissolved
11 in the water, is all I'm saying. And therefore they do
12 not migrate as such. That's the point.

13 MR. SMITH: Okay. Thank you. At this
14 time, then, we would like to go into a comment period,
15 you know, barring any hands for questions of
16 clarification.

17 During this portion of the meeting, we
18 would ask those of you who would like to comment to --
19 if you could just -- you're welcome to stand in place.
20 If you would give us your name and if you'd spell your
21 name, please. And if you'd like to get a copy of the
22 Record of Decision, and the responsiveness document
23 also, if you'd give us your address also.

24 For those of you that signed up to be
25 here in the meeting tonight, we will send a copy of the

1 Record of Decision to you for being here at this
2 meeting. But if you'll state your name clearly -- and
3 you might need to speak fairly loudly so that it can be
4 recorded for the record. The transcript of tonight's
5 meeting, including the comments that you make, will be
6 available in the information repositories, and we'll try
7 and get that out to you before the -- well, we've got
8 about two more weeks left in the comment period. It will
9 be -- try to get that out before the end of the comment
10 period. So with that, do we have someone that would like
11 to give comments, then? Yes.

12 MR. WADKINS: Robert Wadkins. Last name
13 is W-a-d-k-i-n-s. And I think they have my address.
14 There's been a lot of discussion on these plumes, and what
15 might reach the groundwater. Of course, that's one of the
16 major things that the citizens of the State of Idaho are
17 concerned about. I heard tonight that it was going to be
18 10,000 years before the heavy metals, U 235 would reach
19 the groundwater by modeling by a code name "GW Screen."
20 My understanding is there's been very little benchmarking
21 of these codes done.

22 Last summer there was what was called the
23 aquifer stress test to try and do some benchmarking.
24 There's been considerable work to validate codes --
25 we've heard about the NRC -- to validate computer codes

1 to make sure that they predict what's right. The codes
2 that are being used at the INEL are not benchmarked.
3 They are not validated. And I think we're getting the
4 cart before the horse on this and going out and taking
5 actions before we really know what we've got as far as
6 contaminants. Let's get some good computer codes.
7 Let's get some good modeling. I see dated and transport
8 modeling in here. And again it's the old adage of
9 "garbage in, garbage out." And I think that's what
10 we've got here.

11 We don't know the ion exchange of these
12 metals between the soil. Conservative values most
13 largely are being used, but there's a lot of unknowns,
14 and there needs to be some overall benchmarking of those
15 computer codes that are being used similar to what the
16 NRC has done with the relapse models, the Skadat (sic)
17 models.

18 We talk about us spending huge sums of
19 money on reactor safety, and we're talking about risk
20 here supposedly, according to the EPA, of five in
21 10,000. This is much greater than what the NRC is
22 saying you're going to have from some of these spare
23 reactor accidents. So let's get some codes validated
24 and benchmarked, and then let's proceed with what we have
25 -- either a No Action or Alternative Actions.

1 MR. SMITH: Okay. Thank you. Yes, sir.

2 MR. LOGAN: And I have some comments. If

3 I promise to speak loudly, may I remain seated?

4 Incidentally, my comments are written down, and I'll
5 provide your secretary with a copy of those.

6 MR. SMITH: Would you state your name
7 also, please.

8 MR. LOGAN: Yes. My name is John Logan.
9 Okay. I would first like to interject that I heartily
10 agree with what's just been said when it comes to the
11 need for the improvements that he's talking about.
12 There's certainly a real need there. All right. I have
13 seven comments, and here they are.

14 The first one goes like this. According
15 to DOE's reports regarding remediation of these sites,
16 considerable uranium-235 remains unrecovered -- about
17 two pounds at the SL-1 site and about eight pounds at
18 the Borax-1 site. Because of U-235's very long
19 half-life, as a practical matter it will never decay
20 away, and there is enough there to make one or more
21 nuclear weapons.

22 With today's improved equipment, scraping
23 an inch or two of topsoil from the ground surface and
24 passing the scrapings and any other appropriate
25 excavated soil through soil decontamination equipment

1 and a heavy metal particle separation device could
2 probably recover a considerable amount of the uranium
3 and other radionuclides for disposition elsewhere.

4 And before replacing more cover material,
5 it appears that this should be tried on a limited scale
6 and used more extensively if the trials prove
7 successful. Removal of uranium-235 will not only
8 restore this uranium to secure storage; it will also
9 decrease these sites' long-term impacts that will not be
10 reduced appreciably during the limited lifetime of an
11 engineering barrier. That was comment No. 1.

12 Comment No. 2. What water transport time
13 (from the surface to the aquifer) and what flow rate in
14 the aquifer were used in the evaluation? Since these
15 are uncertain, what extremes were considered in the
16 uncertainty analyses? What kind of uncertainty analyses
17 were done, and what were the resultant extremes of
18 dosage imposed by the more significant radionuclides in
19 the aquifer plumes from SL-1 and Borax-1?

20 Comment No. 3. Will the SL-1 contaminant
21 plume in the aquifer overlap the plume from Borax-1?
22 Will these plumes overlap the plume from the previously
23 evaluated RWMC Pad A? (Pad A is downstream from Borax-1
24 and SL-1. And for Pad A, DOE previously concluded that
25 a cap will be installed over about 18,000 55-gallon

1 drums and 2,000 4 x 4 x 7 foot boxes of alpha-
2 contaminated Rocky Flats waste that is to be left buried
3 there.) My concern is the combined impact of these on a
4 future member of the public since it is the combined
5 impact on the maximally exposed individual that counts.

6 And this combined impact is what should
7 be considered in deciding what to do about the waste at
8 each disposal site. In addition, the following
9 locations emit plumes that may overlap the plumes from
10 SL-1 and Borax-1 and Pad A. Waste buried from 1984
11 through the end of RWMC waste disposal operations, the
12 Test Reactor Area, the Idaho Chemical Processing Plant,
13 and the portion of the RWMC that was used for rad waste
14 disposal from 1952 to 1984.

15 The impact of all of the plumes that
16 overlap should be considered in reaching a conclusion
17 regarding the appropriate remediation action for waste
18 at any one of the locations. Moreover, the extent of
19 time in the future that should be addressed should not
20 be restricted to a relatively short time period like 100
21 years or 1,000 years but should extend much further to
22 at least 10,000 years.

23 Comment No. 4. These sites are essentially
24 inactive disposal sites for spent fuel, transuranic waste,
25 greater than Class C waste, and low level waste. There

1 are laws against disposal of such waste -- that is, 40 CFR
2 193 and the Low Level Waste Policy Act of 1985 -- unless
3 the waste can be shown to be adequately confined for at
4 least 10,000 years. How are these requirements accounted
5 for?

6 Comment No. 5. Considering the Nuclear
7 Regulatory Commission scenarios regarding a future
8 inadvertant intruder onto an in-future abandoned waste
9 disposal site -- that is, the well drilling scenario,
10 basement excavation and home construction, farming and
11 excavation and discovery of buried articles -- what
12 would be the maximum dosage to such an intruder at the
13 times of maximum dosage regardless of how far these are
14 in the future? Or at least to 10,000 years?

15 How do these doseages compare with DOE
16 and NRC dosage limits for a future inadvertant intruder
17 onto an unrecognized abandoned rad waste disposal
18 facility?

19 Comment No. 6. The planned cleanup of
20 Pit 9 could provide experience-derived information on
21 which to base cost estimates for cleaning up the SL-1
22 and Borax-1 sites. And changes to their cost estimates
23 could influence the decision regarding which remediation
24 alternative to pursue. Consideration should be given to
25 deferring the final decision regarding these sites until

1 Pit 9 cleanup has progressed sufficiently to permit
2 better assessment of the methods and costs that should
3 be involved in their cleanup.

4 Also possibly some of the waste generated
5 in these cleanups could best be prepared for disposal by
6 processing them through the Pit 9 treatment facilities.

7 Comment No. 7. The Site Disposition
8 Alternatives considered apparently only one involving
9 waste removal -- removal of all contaminated materials,
10 the most expensive of all. Partial cleanup involving
11 the above mentioned ground scraping plus removal of
12 materials contaminated beyond 10 CFR 61 Class A limits
13 deserves consideration as an alternative.

14 Such a partial cleanup could substantially
15 reduce the very long half-lived portion of these sites'
16 radioactivity plumes in the aquifer and their impacts on
17 future inadvertent intruders, and the cost should be
18 substantially less than that of total cleanup. That's all
19 my comments.

20 MR. SMITH: Thank you, Mr. Logan. Any
21 other comments from the audience?

22 MR. WADKINS: Yeah. I'm doing that one
23 at a time rather than doing them -- maybe I'll cheat.
24 Robert Wadkins. I still have a question on the land use
25 and the industrial scenario, and I think that any

1 further action or closing out or accepting of any
2 alternatives be delayed until we get a land use plan for
3 the INEL so we know where we're going and what we're
4 going to do with it.

5 The one in ten scenario -- again I
6 believe on the industrial, the risk scenario, I believe
7 there's a direct exposure driving that, and it's a
8 direct exposure to an individual with no capping, no
9 asphalt, or something like that. I believe it needs to
10 be a realistic scenario on the industrial scenario, and
11 that factors again into this land use.

12 I think that we're just sitting here
13 spinning our wheels and perhaps spending a lot of money
14 along with the wheel spinning if we proceed with some of
15 these alternatives before we've got a land use plan in
16 place for these areas that we're considering tonight,
17 and perhaps even the total INEL. The soil consolidation
18 variables that were mentioned, I think that if you're
19 picking up any contamination out there under the EPA
20 criteria, if you're going to say that it's going to be
21 exposed and there's no cover on it, you're going to have
22 to consolidate the soil.

23 I don't think you've got any choice with
24 the cesium-137 out there. The other question I have, is
25 there's a number of studies going on on various capping

1 things on what was called the old dairy farm out there.
2 I don't know what those studies are called, but they've
3 done a number of studies and looking at animals
4 burrowing into the soil and things like that.

5 I think those should be factored in.
6 Here there's a lot of research going on out there, and I
7 keep seeing these things and none of it factored in
8 here. Here we're proposing some things, that of capping
9 and that -- let's use what work we've done and what
10 research we've done out there. Are you aware of that?

11 MR. JINES: Oh, certainly.

12 MR. WADKINS: That it's been factored?

13 MR. JINES: Oh, certainly.

14 MR. WADKINS: How?

15 MR. SMITH: For participating during the
16 comment phase, thank you, Mr. Wadkins. You know, if you
17 want to go back into some Q and A, we've got a break
18 coming up, and you can do that.

19 MR. WADKINS: Okay.

20 MR. SMITH: Any other comments tonight
21 for -- okay. Let's take a five-minute break and we'll
22 come back and discuss the -- but before we take the
23 break I want to show you one other slide here just to
24 remind you.

25 The comment period for this project on

1 the SL-1 and Borax projects is May 3rd through June 3rd.
2 If other comments, ideas come to your mind, you know,
3 you still have time to get those in to us. Let's see,
4 then. With that, let's go ahead and take the break. If
5 you'd like to, when we reconvene, go through the
6 Question and Answer you just raised, we have time for
7 that.

8 (A recess was taken.)

9 MR. SMITH: We'd like to start the next
10 section. Originally this project was taken out -- in
11 the early stages was taken out to the public in the
12 summer of '93, and at that time citizens were asked if
13 they had any ideas or suggestions that we might consider
14 during the investigation. The investigation has been
15 proceeding during that year and a half. Tonight we're
16 going to be presenting the results of that.

17 With the Department of Energy is the
18 project manager, Alan Dudziak, and from Lockheed Martin,
19 Steve McCormick. So -- and the State of Idaho
20 representative on this project is Shawn Rosenberger, and
21 Shawn's office is here in Idaho Falls. And from EPA
22 Region 10, again Howard Orlean. So, Shawn, is there
23 anything you'd like to mention about CFA before we begin?

24 MR. ROSENBERGER: I guess it's pretty
25 much what we said with SL-1. We've been involved with

1 the investigation and reviewed the study reports and
2 have been -- helped develop the plan, and we concur with
3 the Preferred Alternative. And we just encourage your
4 comments, your questions tonight. We'll consider those
5 when we write the Record of Decision. That's it.

6 MR. SMITH: Okay, Shawn. Thank you.
7 Howard?

8 MR. ORLEAN: I'll try to repeat myself
9 slower this time. Again, EPA has also reviewed the
10 investigation documents and we've reviewed the proposed
11 plan, and we concur on the Preferred Alternatives. So
12 with that, take it away.

13
14 PRESENTATION BY DOE IDAHO

15 MR. DUDZIAK: Thank you. Good evening.
16 I'm Alan Dudziak. I'm the DOE manager for Environmental
17 Restoration at the Idaho Central Facilities Area, and
18 I'm here tonight to tell about you the Central
19 Facilities Area Landfills and some other No Action sites
20 that we evaluated under the Track 1 process that Alan
21 Jines described for you earlier.

22 Our project is a bit different from SL-1
23 Borax, primarily in that we do not have any clearly
24 identified risks, and we also don't have the long-term
25 radiological issues that you heard about earlier for

1 SL-1 in Borax. Okay. A little bit of the location.
2 You've seen this before. This is Idaho. This is where
3 the INEL is, and these are the two projects you've heard
4 earlier. And now I'll be talking about the Central
5 Facilities Area, primarily the landfills, and also the
6 Track 1 sites which are located in this vicinity.

7 And then there's one that's up in the
8 Fire Department Training Area about four miles north of
9 CSA. First a little bit of background. This is an
10 aerial view photograph of the Central Facilities Area
11 with the landfills. Landfill II kind of got cut off in
12 this particular picture, but you can see where it is at
13 least.

14 Basically, Landfill I operated from the
15 1950s until about 1984. It's approximately eight acres,
16 and most of the disposal was before Landfill II opened.
17 There has been limited disposal since then. That's why
18 we say '84 for the end. Landfill II, from 1972 to '82;
19 it's about 15 acres. Landfill III, from 1982 to 1984;
20 it's approximately 12 acres for a total of about 35
21 acres, is what we're looking at.

22 This area here is Landfill III extension.
23 It is not part of this investigation because it operated
24 until 1993. A little bit about the types of waste we
25 had on these landfills. There were smaller quantities

1 of waste such as metals, oil, sludge, paint, paint
2 thinner, solvents and such, but the vast majority of the
3 waste was ordinary trash and sweepings, cafeteria
4 garbage, wood, scrap lumber, masonry, concrete, other
5 building materials, things like that, and, you know,
6 weeds, grass, miscellaneous waste like that.

7 As the wastes were disposed they were
8 covered up with dirt, as one might expect, and the final
9 layer on each of the landfills is approximately one to
10 four feet thick, and that's what we'll be referring to
11 this evening as the existing soil cover. Starting about
12 two years ago, we conducted a remedial investigation on
13 these landfills, and I'd like to introduce Steve
14 McCormick to tell you about it. Steve McCormick is the
15 technical lead on the landfills project. He's been
16 involved throughout the investigation. Steve.

17
18 PRESENTATION BY LOCKHEED MARTIN IDAHO

19 MR. MCCORMICK: Thanks, Alan. Our
20 investigation primarily consisted of looking at these
21 exposure pathways. We focused on these pathways simply
22 because these are the most likely pathways from which an
23 exposure would occur from contaminants that would
24 migrate out of the waste, that would potentially migrate
25 out of the waste, and cause an exposure.

1 We collected samples from the existing
2 surface soil covers, from the air above the covers, and
3 from groundwater, a network of groundwater monitoring
4 wells in the vicinity of the landfills. The results
5 shown here indicate the presence of these compounds at
6 the landfills. Risk assessment shows that these
7 compounds do not pose a clear unacceptable risk at the
8 site, and there is no clear trend of contaminants in the
9 groundwater.

10 The data don't indicate a clear trend of
11 contamination from our groundwater evaluation. Also
12 it's apparent that there's no hot spot or an area in the
13 landfills where there's an intense concentration of
14 contamination that's migrating out. But you notice we
15 just evaluated these pathways that involve contaminants
16 that may migrate out of the waste.

17 We did not sample the waste for the
18 purposes of risk assessment. The reason for that is
19 that that's an approach that involves a lot of
20 uncertainty. The best way I can illustrate this aspect
21 of uncertainty is just to suggest this -- that most of
22 you have been to a landfill at some point or other.
23 You've seen people disposing of everything from grass to
24 televisions to couches and containers with who knows
25 what's in them, and essentially the bulldozers would

1 compact the waste down and over a period of years after
2 the landfill becomes full, we end up with the soil
3 cover. And then we're faced with the task of evaluating
4 what's in the landfill.

5 It's very difficult and very -- and not
6 cost effective at all to try to collect a sample at a
7 given location that's indicative of the rest of the
8 waste throughout this mass of waste. So essentially
9 this illustrates the idea of uncertainty when it comes
10 to sampling the waste in the landfill itself. So the
11 first one we just looked at the representative -- the
12 representativeness of a sample that you may collect.

13 And also the disposal records are not
14 specific on the specific contaminants and volumes of
15 waste involved. And I think this just illustrates some
16 of the uncertainty involved in a site like this and
17 those decision-making properties. And it's because of
18 this uncertainty that the agencies have decided to
19 evaluate alternatives relating to this site. Now Alan
20 is going to tell you more about the specific
21 alternatives we evaluated.

22 MR. DUDZIAK: Thank you, Steve. You've
23 got a little bit of background and some information on
24 the investigation we conducted. So now where do we go
25 from here? Basically Steve mentioned that the baseline

1 risk assessment did not clearly identify any unacceptable
2 risk. However, there is some substantial uncertainty with
3 both the sampling because of the unsorted nature of the
4 waste. It's hard to get representative samples, so
5 there's uncertainty from that.

6 There's also uncertainty in the disposal
7 record. Especially in the earlier days, the disposal
8 records were more general in nature. It doesn't say we
9 have so many grams of this contaminant and, you know,
10 whatever. It's just like, you know, well, a load of
11 construction debris or something. And I guess it's
12 impractical to fully characterize the landfill. Because
13 of the unsorted nature it would take too many samples in
14 order to characterize it, and so it's not cost effective
15 to do so.

16 Because of this uncertainty it's possible
17 that there is a risk higher than the specific numbers
18 we've estimated. And for purposes of selecting a
19 remedy, we've made a presumption that there could be a
20 higher risk, an unacceptable risk, and we're taking
21 remedial action accordingly.

22 It's also important to note -- and I
23 think Steve alluded to this -- that the remedial
24 investigation did not reveal any extraordinary risks
25 associated with the landfill waste. We didn't find any

1 particular hot spots or something that would warrant a
2 more severe action than what we're proposing tonight.
3 In order to minimize the potential risk, we've developed
4 some remedial action objectives. Primarily we're
5 basically trying to prevent contact with the waste,
6 protect the aquifer, and comply with all applicable or
7 relevant and appropriate requirements. That's a
8 mouthful.

9 We refer to them as ARARs. Basically
10 this is the laws and regulations that are out there
11 which either apply to us or can be -- provide us with
12 good ideas on how to deal with our situation. And
13 "applicable" means that it does apply to the site.
14 "Relevant and appropriate" means it would be something
15 that we could use for ideas on how to best deal with our
16 situation. Okay. One place we looked for guidance on
17 how to meet these objectives was in the EPA's
18 Presumptive Remedy Guidance for CERCLA landfills.

19 And a presumptive remedy is basically a
20 set of actions or elements of an action that you can
21 take to deal -- they're generic in nature, and they're
22 to deal with a certain type of site -- in our case a
23 landfill -- and they provide us with ideas on how we
24 might remediate our particular site. And we did find
25 that for these landfills our proposed action of

1 containment is consistent with the presumptive remedy --
2 okay -- to meet the objective. We have some -- in order
3 to meet these remedial action objectives, we looked at
4 some general response actions. First is No Action, and
5 that is because the law requires us to evaluate that.
6 It's kind of a benchmark to start from.

7 Institutional Controls and containment
8 are elements of the presumptive remedy. Institutional
9 Controls is basically putting up a fence or warning
10 signs, things like that to control access to the site.
11 Containment would be actually taking measures to contain
12 the waste or to contain contaminants from the waste such
13 as additional soil covers, things like that. And --
14 let's see.

15 And the containment will limit exposure
16 to the waste and also limit potential migration of the
17 waste. Okay. Some specific alternatives that we
18 developed, or -- actually, just a moment. I'm getting
19 ahead of myself here. In order to develop specific
20 alternatives, we look at some evaluation criteria, and
21 these will be applied to the alternatives that we
22 consider. Basically what we're trying to do is be
23 protective of human health and the environment and to
24 comply with ARARs. We have various others you can see
25 here, and what we're here for tonight in part is this last

1 one, and that is public acceptance.

2 We're here to get your feedback and --
3 you know, to input into our final decision. Now, we're
4 also here to provide you with this information, but part
5 of what we're here for is to get your feedback. Okay.
6 Now, we considered four specific alternatives. We
7 considered four specific alternatives for these
8 particular sites. They all have some common elements
9 which I'd like to start with. In all cases the waste
10 would remain in place. Groundwater monitoring would be
11 conducted for at least 5 years, possibly 30 years, and
12 there's a 5-year -- every 5-year review period where we
13 would determine whether that needed to continue. In all
14 cases we are assuming the DOE or its successor would
15 control the INEL for the first 30 years. All of them
16 assumed installation of one additional groundwater
17 monitoring well over and above the network we already
18 have. I say "assume" because these are included in the
19 cost estimates, and -- but it's yet to be determined
20 whether or not that will be needed.

21 That will be part of the development of
22 the monitoring plan. Also all the cost figures you see
23 here are current value of money to be spent over 30
24 years. It's not all to spend next year or something.
25 Okay. Our first alternative, again it's the No Action

1 Alternative. Again, that's our basemark or benchmark.
2 It's required by law to be evaluated. It assumes no
3 access restrictions beyond that initial 30-year period
4 where DOE controls the site, and it costs about a million
5 dollars for monitoring and management.

6 Second alternative is the Institutional
7 Controls with monitoring. Now, that's institutional
8 controls, as I mentioned earlier.. In this case it would
9 be building a fence and controlling access to the site
10 even beyond that initial 30 years. And in this case the
11 cost would be about \$1.9 million, of which 500 is for --
12 \$500,000 or half a million is for initial construction,
13 and \$1.4 million is for the ongoing monitoring and
14 maintenance. Okay.

15 Alternative 3 is our Preferred
16 Alternative and it's called the uniform containment with
17 the native soil cover. Under this alternative we would
18 use the existing soil cover and additional dirt as
19 needed to ensure at least two foot thickness of soil
20 over all the landfill wastes. And we would also compact
21 the soil and do leveling and grading in order to ensure
22 control of the water run-on and runoff, and to limit the
23 permeability of the soil in order to limit water
24 infiltration because infiltration can lead to potential
25 migration of contaminants. Let's see.

1 Under this alternative we would also have
2 deed restrictions, which would basically warn any
3 potential future residents of the potential hazard and
4 provide land use restriction, if you will, for the
5 future. The cost of this alternative is about \$3.5
6 million, of which two million is for the initial
7 construction, et cetera, and one and a half million for
8 the ongoing maintenance and monitoring. Okay.

9 Alternative 4 is similar to Alternative 3
10 except that the main difference is that it adds an
11 impermeable layer which is basically either clay or a
12 geomembrane layer designed to prevent infiltration of
13 the water. This one has similar benefits to
14 Alternative 3 except an even higher level of assurance
15 that we would not have infiltration and subsequent
16 potential migration of contaminants.

17 Unfortunately, it also introduces a
18 higher short-term risk because of the additional
19 transportation and construction activities. The cost of
20 this alternative is about \$15 million, of which about
21 \$12 million is for the initial construction, et cetera,
22 and \$3 million for the ongoing monitoring and
23 maintenance. As I mentioned, our Preferred Alternative
24 is Alternative 3. And in the proposed plan, if you look
25 on page 14 there's a section called Summaries of

1 Preferred Alternatives, and that goes into a bit about
2 why we prefer Alternative 3.

3 Here are some additional advantages. I
4 guess the bottom line is basically that Alternative 3,
5 given the regulatory framework in which we operate,
6 provides the best protection. It's effective protection
7 of human health and the environment. It's the best
8 balance among these various evaluation criteria. The
9 cost is somewhat reasonable, and, you know, the other
10 alternatives, like Alternative 2, doesn't meet the
11 threshold criteria and the evaluation control and
12 compliance with ARARs. And Alternative 4 is much more
13 extensive and has a higher short term risk.

14 So we prefer Alternative 3. And let's
15 see if I missed anything here. Oh, yeah. And
16 Alternative 3 does address the uncertainties with the
17 contents. As I mentioned earlier, we're following the
18 guideline of the Presumptive Remedy, and that's a proven
19 technology for landfills. It does limit migration of
20 contaminants, protects human health and the environment.
21 And we do implement a monitoring plan under this
22 alternative in order to make sure that it's effective.

23 Okay. That's it for the landfills. I'd
24 like to go now on to the No Further Action sites. I'd
25 like to tell you a little bit about the Track 1 process,

1 an overview of the sites, and the conclusion of our
2 investigation which was that we recommend No Further
3 Action. And that is deemed appropriate on each of them.
4 Okay. The Track 1 process I won't go into too much
5 because Alan Jines described it earlier.

6 An overview of the sites. Basically
7 there are 19 sites. They're all underground storage
8 tank sites with one or two tanks per site, and they're
9 all located at the facilities area except for one which
10 is about four miles north, up north of the Chemical
11 Processing Plant. And that's at the Fire Department
12 Training Area, and that's a gasoline tank that's still
13 in use. Okay.

14 Sixteen of them have removal and sampling
15 records where we have documentation that the tank was
16 taken out recently, sampled underneath it, and we know
17 what the residual is. Two are believed to be removed,
18 and that's based on other information like interviews
19 with the operator that removed it or survey results
20 where we're unable to locate them where they were or
21 where the records indicated they were, and they're
22 believed to have been removed sometime after the 1950s
23 when they were taken out of service.

24 One of them, as I mention, is still in
25 use. That's the Fire Department Training Area tank.

1 They use that to supply fuel to set fires to practice
2 putting them out. This one is evaluated based on any
3 potential past releases. Because it's still an active
4 tank, when it's taken out of service, any current
5 release will be dealt with there. Okay. Basically at
6 the conclusion of the investigations, all of these tanks
7 were evaluated based on findings from the preliminary
8 investigation, historical records and field sampling,
9 and none of them show unacceptable risk to human health
10 or the environment.

11 If you're interested in further details,
12 they're provided in the proposed plan, and in the
13 administrative record where -- or I could take any
14 specific questions when we start that phase. And with
15 that I'll turn it back to Reuel. Thank you very much.

16

17 Q/A AND PUBLIC COMMENT SESSION

18 MR. SMITH: Okay. Any questions of
19 clarification on the presentation materials that you
20 just heard, had an explanation on? Yes.

21 AUDIENCE MEMBER: Could you tell us what
22 ARARs Alternative 2 doesn't meet but Alternative 3 does
23 meet?

24 MR. DUDZIAK: It's basically the
25 protection of groundwater because Alternative 2, it just

1 involves, basically, human access to the site. It
2 doesn't take any measures to prevent ponding, and so
3 there's still the potential for migration greater than
4 if we did Alternative 3.

5 AUDIENCE MEMBER: So you ran models with
6 different moisture flux based on ponding or something to
7 make that decision?

8 MR. DUDZIAK: No, we did not.

9 MR. McCORMICK: I'm sorry. We're just
10 assuming that a designed cover is going to inhabit --
11 not inhibit or enhance runoff, so therefore reduce
12 infiltration, given what's there now.

13 MR. DUDZIAK: Bonding occurs under
14 current conditions. Part of the Alternative 3, part of
15 it would be the grading in order to provide good runoff
16 and prevent ponding.

17 AUDIENCE MEMBER: Okay.

18 MR. ORLEAN: There are also some
19 regulations under the Resource Conservation Recovery Act
20 specific to landfills, municipal waste landfills, these
21 type of waste landfills that Alternative 2 would not
22 meet but Alternative 3 would meet those.

23 AUDIENCE MEMBER: So you're considering
24 -- what? -- subtitle D landfill regulations?

25 MR. ORLEAN: Uh-huh, as one that's

1 relevant and appropriate.

2 AUDIENCE MEMBER: Relevant and appropriate.
3 Okay. So your closure has to meet those substantive
4 requirements of --

5 MR. ORLEAN: Right.

6 AUDIENCE MEMBER: Okay.

7 MR. SMITH: Okay. Other questions?

8 Okay. That being the case, we'll move to the -- Alan?

9 Okay. Let's move into the next part of the presentation,
10 then, or the next session would be a public comment. Do
11 we have anyone that is prepared to offer comments? Okay.
12 And the same thing will apply to that one that applied to
13 this one.

14 MR. WADKINS: Robert Wadkins. Last name
15 is W-a-d-k-i-n-s. My comments before somewhat apply,
16 and I've got some additional ones. The risk here seems
17 to be again for a residential scenario, and it's
18 beryllium, two in 10,000. Let's get the land use for
19 these things before we go off and spend a big bunch of
20 money.

21 What are we going to do? Is this thing
22 going to be industrial? Is this going to be farming?
23 What's it going to be, so we really know what the risk
24 is? I heard Alan say no risk, but due to the
25 uncertainty we're going to spend \$2 million more a year

1 plus 60k a year more, I like action No. 1, which is No
2 Action or Alternative No. 1, which happens to be No
3 Action if we've got models and codes that can predict
4 what's going on and have been benchmarked and validated.

5 Why spend the money if we've got the
6 confidence? If we're just trying to cover ourselves
7 because of uncertainties so we throw in this Alternative
8 3 here, it doesn't seem like the right thing, and I
9 don't believe we're protecting the public.

10 This has been DOE's credibility problem
11 from day one. Let's get it down to where we got
12 confidence in what we're doing. And if it takes
13 computer codes that are benchmarked and validated, let's
14 do it. My suggestion is let's get the National Academy
15 of Sciences out here. They were out here looking at
16 some of this stuff before.

17 Let's specifically have them look at some
18 of these codes and the way we're doing things so that
19 we've got some confidence in it. If the risk is really
20 less than one in 10,000, then let's go with the No
21 Action on it. There's no need to go with the
22 Alternative 3 and spend the additional money. If it's
23 needed and warranted, certainly we want to do it. But
24 let's get the risk down to where we really know what it
25 is. And my suggestion is let's get an independent

1 reviewer in here, and perhaps the National Academy of
2 Sciences is the way to start.

3 MR. SMITH: Okay. Thank you. Any other
4 comments for the record?

5 Again, a transcript of the presentation
6 and the exchange of comments here will be in the
7 transcripts of tonight's meetings and will be available
8 in the administrative record. The comment period for
9 the Landfill Project began on April 26th and will close
10 on May 26th, so we would encourage you or other
11 acquaintances that you may know of that would be
12 interested in this project to turn in comments by that
13 time.

14 The Record of Decision on both of the
15 projects that we've talked about tonight are expected
16 later this year or early next year -- November of this
17 year for landfills, and the SL-1 Borax project will be
18 January of 1996. So you can expect to get a Record of
19 Decision in the mail at that time.

20 That officially closes this portion of
21 this meeting. Bob, I see you may have -- I see you have
22 a --

23 AUDIENCE MEMBER: Well, again a Record of
24 Decision. And you're saying, hey, we're going to go
25 ahead with this. This is going to be the Record of

1 Decision but, you know, I'm saying you can do a lot of
2 code validation for \$2 million, and an additional 60k a
3 year over 30 years adds up. Let's find out where we
4 really are on these things. Are we going to use science
5 or are we going to using black magic? Let's try and use
6 some science. And the comment -- Dr. Hall's comment on
7 these things -- have you run these codes? Did you get the
8 ponding? What did you do? What infiltration can we put
9 in conservative numbers? Everybody knows that. There's
10 conservative numbers been run. The code may not be any
11 good. Let's benchmark it against some other codes and
12 find out -- Oak Ridge, Oil Codes, whatever they happen to
13 be. But let's do that.

14 MR. SMITH: Okay. And I appreciate the
15 clarification on this. This was an anticipated or an
16 expected schedule. Depending on the agencies' decision
17 given public comment, that could be affected.

18 But with that, we thank you on behalf of
19 the agencies for your participation and attendance, and
20 appreciate your comments and the time you put into your
21 thoughts and suggestions. So we hope you have a good
22 evening, and thank you again for attending.

23 (The hearing concluded at 9:10 p.m.)
24
25

REPORTER'S CERTIFICATE


STATE OF IDAHO)
COUNTY OF ADA)


I, ROBYN DANE, CSR, a Notary Public in and for
the State of Idaho, do hereby certify:

That said hearing was taken down by me in
shorthand at the time and place therein named and
thereafter reduced to computer type, and that the
foregoing transcript contains a full, true and verbatim
record of the said hearing.

I further certify that I have no interest in
the event of the action.

WITNESS my hand and seal this 30th day of
May, 1995.




ROBYN DANE, CSR
Notary Public in and
for the State of Idaho.

My Commission Expires 5/9/97.